

U.S. CHEMICAL SAFETY AND HAZARD
INVESTIGATION BOARD

* * * * *

PUBLIC MEETING

* * * * *

Wednesday,
October 15, 2003

The Public Meeting met in the Magnolia Room in the Lafont Inn, Highway 90, Pascagoula, Mississippi, at 9:30 a.m., Dr. Gerald Poje, Board Member, presiding.

BOARD MEMBERS:

GERALD POJE, Presiding Officer
IRV ROSENTHAL
JOHN BRESLAND
ANDREA K. TAYLOR

ALSO PRESENT:

CHRIS WARNER, General Counsel
CHARLES JEFFRESS, Chief Operating Officer

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

I-N-D-E-X

WELCOME AND INTRODUCTIONS

Board Member Gerald Poje	3
Board Member Bresland	6
Charles Jeffress	9

PRESENTATION OF INCIDENT

Stephen Wallace	9
Michael Morris	19

QUESTIONS BY BOARD MEMBERS 37**RECOMMENDATIONS**

Jordan Barab	53
--------------------	----

QUESTIONS BY BOARD MEMBERS 66**PUBLIC COMMENTS**

James Ellis	72
Senior Vice President of Operations of First Chemical	
Becky Gillette	78
Conservation Chair of Sierra Club	
Paula Vassey	80
Ray Watson	82
Fire Coordinator and District Fire Manager Jackson County	

DISCUSSION OF REPORT AND VOTE 84**CLOSING COMMENTS**

Board Member Poje	92
-------------------------	----

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 P-R-O-C-E-E-D-I-N-G-S

2 9:30 a.m.

3 BOARD MEMBER POJE: Good morning. Welcome
4 to this public meeting of the U.S. Chemical Safety
5 Board, better known as the CSB.

6 I am Dr. Gerald Poje, one of the five
7 Board members. And I will be chairing today's
8 session. The Board Chairman, Carolyn Merritt, was
9 unable to make it here today, but she maintains a
10 strong interest in the subject of this meeting.

11 With me today are my fellow Board members:
12 Dr. Irv Rosenthal to my far left; Mr. John Bresland to
13 my immediate right and Dr. Andrea K. Taylor to my far
14 right. Together with our Chief Operating Officer to my
15 immediate right Mr. Charles Jeffress and our General
16 Counsel Chris Warner.

17 For the sake of everybody in the room and
18 for the ability to hear our hearing, please put your
19 pagers and cellphones on vibrate or turn it off.

20 Today's session is going to be videotaped
21 and will be rebroadcast tomorrow from the Board's
22 website, csb.gov.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 On October 13, 2002, a thunderous
2 explosion shattered the quiet of a single time in the
3 Pascagoula area. Shortly 5:00 a.m. that morning at
4 the First Chemical Plant on Industrial Road an
5 unconsumed and violent chemical reaction destroyed a
6 145 foot tall distillation tower blowing off the top
7 35 feet of the structure and sending massive fragments
8 of debris hurdling in all directions. Some of this
9 debris traveled three-quarters of a mile from the
10 explosion site raining down on surrounding industrial
11 facilities.

12 Fortunately, this accident caused no
13 serious injuries among the workers working there that
14 morning at First Chemical and its industrial
15 neighbors. Three employees did suffer minor injuries.

16 However, as I pointed out here in Pascagoula last
17 January, the consequences of this accident could have
18 been far worse. The First Chemical Plant is located
19 in a dense chemical corridor near a refinery and a
20 fertilizer plant, large storage tanks some containing
21 toxic or flammable substances dot the landscape in and
22 around First Chemical.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 One of the projectiles from this
2 explosions damaged a large nitrotoluene tank some
3 distance away, igniting a fire that burned for several
4 hours.

5 We're very fortunate that there was not an
6 even greater chemical release or a more damaging fire
7 as a result of flying debris.

8 We arrived with a team of CSB
9 investigators shortly after the event last October,
10 and we have continued to conduct our investigation
11 over the last 12 months. In January of this year,
12 lead investigator Stephen Wallace, John Bresland and I
13 came down to Pascagoula to meet with residents and
14 discuss some of their concerns.

15 When the explosion occurred, all the
16 residents were required to shelter in place to attempt
17 to secure themselves in their homes against any
18 potential chemical explosion. Naturally, we've had
19 many concerns from people who were effected. Will
20 they be safe in the future? How can we improve
21 notification about what to do in another emergency?
22 What hazardous chemicals could we be exposed to?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 Some of these, of course, are questions
2 for the facility now owned by DuPont and for local
3 authorities and others.

4 Our purpose at the CSB is to determine the
5 root causes of this accident and issue safety
6 recommendations to prevent similar events in the
7 future.

8 The First Chemical investigation has
9 progressed to the point that today the investigators
10 will present their completed findings and safety
11 recommendations for consideration by the Board.
12 Before the Board moves to any vote there will be an
13 opportunity for members of the public to comment on
14 what you have just heard. If you plan to register a
15 comment, please sign up on a list at the back in the
16 outside area, and I'll call your name at the
17 appropriate point. We ask that you limit your
18 comments to 3 minutes.

19 With that, I recognize any other member of
20 the Board for any opening remarks?

21 BOARD MEMBER BRESLAND: Thank you, Dr.
22 Poje. I just would like to make a few opening remarks

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 before we get on with the meeting.

2 As Dr. Poje said, I accompanied him to
3 Pascagoula in January of this year to attend a
4 community meeting. We gave the community an update on
5 our investigation and we did hear about neighborhood
6 concerns about the accident and about the emergency
7 notification system.

8 I'm very pleased to be back in Pascagoula
9 today to let the community hear the final results of
10 our investigation.

11 I also am gratified that the First
12 Chemical facility is now owned by DuPont. As a former
13 DuPont employee many, many years ago I have always
14 been impressed by their safety program and I'm sure
15 that DuPont will strive to operate a safe facility
16 here in Pascagoula.

17 I read from press reports that DuPont has
18 started a community interaction program, and I commend
19 them for doing that.

20 I look forward to the presentations this
21 morning, and hearing from our investigators.

22 Thank you, Dr. Poje.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 BOARD MEMBER POJE: Thank you, John.

2 If there are no other statements, then I
3 recognize Mr. Charles Jeffress who will introduce the
4 investigative team members who are with us today.

5 Charles?

6 CHIEF OPERATING OFFICER JEFFRESS: Thank
7 you, Dr. Poje.

8 As you mentioned, a team of CSB
9 investigators came down to Pascagoula the day of the
10 actual event to begin the investigation. Ultimately--
11 and will be presented to you today.

12 On behalf of that team there are three
13 representatives who will make the presentation. Lead
14 investigator who led the presentation is Stephen
15 Wallace. He's been with the Chemical Safety Board for
16 3 years, we've known him for 3 years now. He
17 previously worked in industry as a production manager,
18 process engineer, process safety consults, he's been a
19 manager of health and safety at industrial facilities.

20 He has a chemical engineering degree from the
21 University of Kentucky for which us North Carolina
22 folks will get him on occasion, but he's also

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 registered Professional Engineer and he's a Certified
2 Safety Professional.

3 Assisting him is Michael Morris, also an
4 investigator with the Chemical Board for the last 3
5 years. He's worked as a Process Safety Engineer for
6 major chemical/pharmaceutical company. He holds a
7 master's degree in safety and environmental management
8 from West Virginia University.

9 Also assisting is Jordan Barab,
10 recommendation specialist. Has been with the agency
11 for about a year. Prior to that he was a Special
12 Assistant to the Assistant Secretary of Labor for OSHA
13 in Washington, D.C. He's got 20 years in the health
14 and safety field and directed the Health Safety
15 program for the American Federation of State County
16 and Municipal Employees.

17 Those are the three men who will make the
18 presentation to us this morning. Taking the lead will
19 be Stephen Wallace.

20 Steve?

21 MR. WALLACE: Thank you, Mr. Jeffress.

22 Board Members, today the staff would like

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 to present our findings and conclusions from the
2 investigation into the October 13, 2002 fire and
3 explosion that occurred at the First Chemical facility
4 in Pascagoula, Mississippi.

5 I would like to note that on the opening
6 slide the picture you are looking at, is a picture of
7 the column that was involved in the explosion after
8 the explosion. As you can see, the loose metal pieces
9 at the top of the column. Approximately 35 feet of
10 the column were actually blown away from the column.

11 Today we would like to discuss the
12 background of the investigation, the process we used
13 to conduct our investigation, a summary of the actual
14 process in place at the First Chemical facility at
15 that time. We would then like to talk about the
16 incident itself. We would like to discuss the sequence
17 of events and the consequences of the incident. We'd
18 like to discuss the conclusions of our investigation,
19 both the key findings and the root and contributing
20 causes.

21 And finally, we would like to talk about
22 recommendations that we would like to make and propose

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 to keep this and similar incidents from occurring in
2 the future. In other words, this morning we would
3 like to tell you what happened, why it happened and
4 what we propose to keep incidents like this from
5 happening in the future.

6 I'd like to acknowledge the very valuable
7 contribution of each one of our team members. Besides
8 myself, we have David Heller, Francisco Altamirano,
9 Jordan Barab, Mark Kaszniak, Michael Morris, Stephen
10 Selk and John Vorderbrueggen all played a critical
11 role in this investigation. In addition to these
12 individuals, several members of the staff participated
13 in reviewing documents and reviewing our draft
14 reports, and we want to acknowledge their contribution
15 as well.

16 Some background on the First Chemical
17 facility. The Pascagoula facility was owned by
18 ChemFirst, Inc. at the time of the incident. It was
19 purchased by DuPont Corporation a few weeks after the
20 incident. At the time of the incident the facility
21 employed 137 full time employees and 8 full time
22 contractors. The facility produced aniline and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 nitrotoluenes. We're going to speak today about the
2 part of the process that refined mononitrotoluene.
3 Mononitrotoluene is used in making dyes, rubber
4 chemicals and agricultural chemicals.

5 AS an orientation of where the plant is
6 actually located, this is an aerial view of the Bayou
7 Casotte with the industrial park. The triangular
8 shaded area that you see here is actually the First
9 Chemical facility.

10 It is bordered on the west, the southwest
11 by Mississippi Phosphates, and they also own a large
12 gypsum pile that is to the northwest of the First
13 Chemical facility.

14 To the east the facility is bordered by
15 Chevron refinery. As you can see by the picture,
16 there's a large tank farm area adjacent to the First
17 Chemical property and Chevron also owns the wooded
18 property just north of their tank farm.

19 You can see the Bayou Casotte running
20 north to south in this area. There are some other
21 industries along the Bayou, and then in this area are
22 residential homes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 A brief summary of the incident is as
2 follows: On October 13, 2002 at approximately 5:25
3 a.m. an explosion and fire occurred at the First
4 Chemical facility in Pascagoula, Mississippi.

5 The explosion occurred due to a thermal
6 decomposition in a distillation column that was
7 actually shut down at the time. It was not under
8 normal operating conditions at the time of the
9 explosion.

10 This column processed mononitrotoluenes,
11 or what we will refer to as MNT.

12 Three employees who sought refuge in the
13 control room were injured. Two received first aid and
14 one received further treatment for cuts.

15 A shelter-in-place was called due to the
16 explosion and release of material.

17 Because of the serious nature of this
18 incident, the potential for serious offsite
19 consequences and also the involvement of a reactive
20 chemical, the Chemical Safety Board initiated an
21 investigation of this incident.

22 At a discussion of reactive chemicals, the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CSB has studied the reactive chemical problem in
2 industry. We released a report in 2002. We determined
3 that 167 incidents have occurred over the past 20
4 years that have resulted in a 108 deaths. The CSB
5 made recommendations to OSHA and EPA as part of that
6 study, which will be discussed in our recommendations
7 further. But I would just like to point out that this
8 incident further emphasizes the need to implement our
9 previous recommendations regarding reactive chemicals.

10 As part of its investigation, the CSB
11 staff reviewed several thousands of pages of documents
12 which included drawings, it included procedures,
13 various other documents. We interviewed employees of
14 First Chemical, both current and previous employees.
15 And we also conducted testing of material and
16 equipment that was involved in the incident.

17 Also, as mentioned previously, in January
18 2003 the CSB held a community meeting here in
19 Pascagoula to discuss preliminary findings and allow
20 residents to provide comments.

21 The incident occurred in an area of the
22 plant that distilled MNT or mononitrotoluene. The

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 column was shut down at the time of the incident.

2 And mononitrotoluene is a reactive
3 chemical that can degrade rapidly if exposed to heat.

4 Mononitrotoluene is very susceptible to being exposed
5 to very high temperatures or to elevated temperatures
6 for prolonged periods of time. In our key findings
7 discussions we will talk about the time/temperature
8 relationship and how long it takes to actually have an
9 explosion under these conditions.

10 And a bit about the processed chemistry.
11 Mononitrotoluene is made upstream of the column that
12 exploded. It is actually refined in the column.

13 Mononitrotoluene has three different
14 arrangements referred to by chemists as isomers:
15 Orthro, meta and para-mononitrotoluene. The
16 mononitrotoluene was separating these different
17 isomers.

18 And just as a point of context,
19 mononitrotoluene is in the chemical family of
20 trinitrotoluene or TNT, but it has approximately one-
21 third of the explosivity.

22 We're going to focus largely on the column

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 where the incident actually occurred today. In
2 preparation for that I would like to give some
3 background on what a distillation column is. Very
4 briefly.

5 This is a typical distillation column.
6 The feed line to the mononitrotoluene column flowed
7 into the column. Because the column is a temperature
8 that vaporizes some of the material, part of the
9 material vaporizes, flows to the overhead, is
10 recondensed into liquid in which a portion is sent
11 back to the column. This is done to aid in separation.

12 A portion of the material was also sent off site as
13 product.

14 Some of the material that flows into the
15 column stays as a liquid. It flows to the bottom of
16 the column, which is then heated in a reboiler system
17 and vaporized and sent back into the column. Again,
18 this is to aid in separation.

19 The reboiler is heated by some particular
20 heating method, in this case steam was used to heat
21 the column. Steam would flow through the valves that
22 you see, these are representative of valves. This is a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 manual block valve. This is an automatic block valve
2 which open and closes automatically controlled by a
3 computer in order to control the flow of steam to
4 provide the appropriate amount of heat to the
5 reboiler.

6 There is also a bypass line which is
7 usually kept closed so this valve can be taken out of
8 service and maintained but the process would not have
9 to be shut down.

10 This steam is then condensed in the
11 reboiler and is sent back as condensate back to the
12 boiler system and the process is recycled again.

13 A portion of the material from the bottom
14 is actually sent off site.

15 We'd like to point out that there was
16 material, although this column was not actively
17 operating at the time, there was material in the
18 bottom that had not been removed when the column was
19 shut down.

20 I would like to talk about a definition of
21 terms that you're going to hear throughout the
22 morning.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 When we discuss a runaway reaction, we are
2 talking about an uncontrolled chemical reaction where
3 the heat generated exceeds the heat removed.

4 When we discuss hazard reviews and hazard
5 analyses, we are talking about formal management
6 systems to determine risk and decide if additional
7 safe guards are necessary.

8 We are going to discuss shelter-in-place.

9 Shelter-in-place are the steps taken by people in
10 their homes and workplaces to limit their exposure to
11 chemicals. The steps consist of going inside, closing
12 your doors and windows, turning off any ventilation
13 which could bring outside air into the home or
14 workplace, and then monitoring the radio or television
15 to hear further instructions.

16 We're also going to discuss either column
17 or still or vessel. These terms are used
18 interchangeably. We're talking about the tank where
19 the chemicals are separated.

20 With that background and context, I would
21 now like to turn it over to Investigator Michael
22 Morris to discuss the incident description and the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 specifics of what happened that day, and leading up to
2 the event.

3 MR. MORRIS: Thank you, Mr. Wallace.

4 Good morning, members of the Board, Mr.
5 Jeffress, Mr. Warner.

6 As with many incidents the CSB
7 investigates, this one involved events that developed
8 in the days and months before the actual incident. I
9 would like to highlight some of the important
10 preincident events and share with you some details on
11 how these events lead to the explosion on October 13
12 here in Pascagoula.

13 On September 7th the MNT distillation
14 column was shut down. This was accomplished by closing
15 the valves that supplied MNT to the column as well as
16 the outlet valves that send distilled product to the
17 next stage, basically stopping the input and the
18 output from the column. And this was done by closing
19 the input valves on this line and output valves on
20 this line. And the column was actually basically
21 recycling the material inside the column.

22 Now, the column was shut down because of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 production problems upstream. However, it was not
2 emptied. And about 1200 gallons of MNT was left in
3 the column.

4 Again, input and output of the column was
5 stopped, but the steam which heated the column and the
6 cooling system was left on to reduce the amount of
7 steam vented to the atmosphere and to also supply
8 adequate condensate to the plant boilers.

9 On September 22nd there was a fire in a
10 nearby number two hydrogen unit requiring operators to
11 respond. And as a precaution, they quickly isolated
12 or turned off steam supply valves to the MNT column by
13 closing valves in the steam lines and also shutting
14 off the cooling system.

15 They closed manual and automatic valves to
16 block steam from reaching the column. This is the
17 automatic valve and this is the manual block valves.
18 Again, as Steve said, the bypass line is usually
19 closed and also the cooling system was blocked out.

20 Now CSB recovered processed control data
21 and found that after these steam valves were closed,
22 the temperature did not decrease but actually

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 increased during the next 5 days reaching as high as
2 415 degrees fahrenheit. Keep in mind since this
3 process was believed to be shut down and the MNT
4 supply stopped, the temperatures and pressures were
5 not being actively monitored by operations.

6 On September 29th the entire facility was
7 shut down for maintenance, and this included shutting
8 down the plant boilers which supplied steam to the
9 processes in the plant. At this time the process
10 control data that was recovered showed the MNT column
11 temperature dropped to near ambient conditions or the
12 temperature outside.

13 On October 5th when the boilers were
14 brought back on line or started up again, the
15 temperature in the MNT column rose again to
16 approximately 415 degrees fahrenheit. Again, a steep
17 temperature rise even though the steam valves allowing
18 heat to the MNT column were believed to be closed.

19 The subsequent testing of the steam valves
20 showed that they allowed steam to leak through the
21 lines and heat the MNT remaining in the column. This
22 is a picture of how one of the steam valve

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 arrangements were in the field before we had it
2 disassembled for testing. The steam flow would run in
3 this direction through a manual valve, through this is
4 manual valve, and this is the automatic control valve.

5 This is the bypass line. And this is actually what
6 one of the stations looked like before it was removed
7 to be tested.

8 One of the valves allowed as much as 180
9 pounds of steam per hour to pass through during
10 testing. This is a picture of one of the steam valves
11 that when it was taken down during analysis, as you
12 can see, a large hole in the packing of the valve, in
13 the seat of the valve.

14 This is a graph of the temperatures that
15 I've discussed. This is actual recovered process
16 control data from a few days leading up to the
17 incident. As you can see, Steve talked about the
18 column having temperature sensors and they recorded
19 periodically information to the process control system
20 and we were able to download it after the incident.
21 And these are, the purple and the blue are the two
22 lowest column sensors. As you can see when the steam

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 was shut off, as I talked about earlier, the
2 temperature dropped. And, again, this is when the
3 steam was turned back on and when the boilers were
4 restarted, and you can see a gradual increase in
5 temperature until the 13th when the incident occurred.

6 Now by the 13th of October the steam that
7 had been heating the MNT in the column that was
8 presumed to be shutdown had, in fact, raised the
9 column temperature now up to 450 degrees fahrenheit.
10 Now this is in the range that MNT starts to decompose
11 which could lead to an explosion.

12 Due to the column being presumed shut
13 down, operations were not actively monitoring the
14 parameters, again, such as temperature and pressure
15 inside the column. Now keep in mind this process
16 operates normally around 360 degrees fahrenheit.

17 This is an overview picture of the First
18 Chemical facility, just to get you oriented where some
19 of the things are.

20 Again, this is the MNT distillation
21 column. This is the control room where the operators
22 control the process. The distance between the column

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 and the control room is approximately 50 feet.

2 This is a large ammonia storage tank on
3 the facility. And this is PNT tank that was involved
4 in the fire.

5 Now, the day of the incident around 5:00
6 in the morning at the time of shift change, operators
7 in the area recalled hearing large rumbling and
8 feeling the ground begin to shake. One operator
9 outside the control room saw high pressure leak coming
10 from the side of the top of the column. He believed
11 the pressure safety valve was releasing. And he went
12 inside the control room to tell his coworkers what was
13 happening.

14 At this point inside the column the MNT,
15 which had been slowly decomposing over the last 8
16 days, began to accelerate its decomposition. What you
17 had now was a self-feeding rapid runaway decomposition
18 reaction.

19 Around 5:25 a.m. on the morning of the
20 13th the column could no longer contain this pressure
21 being built, being produced by this reaction and a
22 huge explosion was the result. And this explosion

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 blew the top 35 feet off of the column.

2 This is a picture of the control room.
3 And you can see the fire and the blast damage. Again,
4 it was during shift change. There was several people
5 in this area. With the explosion happening in the top
6 35 feet of the column, it was very lucky. There could
7 have been a lot more serious personal injury if it
8 would have happened at the base of the column.

9 Again, this is 50 feet from the
10 distillation column.

11 This is a picture of the control room
12 doors that the operator ran in. You can see the
13 damage, structural damage to the block wall.

14 Also a large fragment from the side wall
15 of the column was propelled like a missile over 500
16 feet to the south. Again, here's the area where the
17 column is. The large part of the column was propelled
18 this way. This is, again, the PNT storage tank.

19 This piece pierced the storage tank
20 creating this large hole. This tank held more than 2
21 million pounds of para-mononitrotoluene and had burst
22 into flames.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Some potential consequences that could
2 have occurred.

3 A large tray from the top of the column
4 slammed into an overhead pipe rack directly above,
5 close to this 500,000 pound pressurized ammonia
6 storage tank. The large piece landed on the ground.

7 Also, all of the packing material that was
8 inside the column was blown out, some off site as far
9 as nearly a mile away. Several pieces of this packing
10 continued to burn after falling back to the earth due
11 to a flammable residue coating on the packing igniting
12 small fires around the plant and around the outlying
13 area. And this is an example of what the packing that
14 was actually inside the column.

15 This piece from the column, weighing
16 nearly 6 tons, was thrown over a 1,000 feet away on
17 the Chevron refinery property in the vicinity of a
18 250,000 barrel crude oil storage tank. A few other
19 large pieces were recovered from a pond on Chevron
20 property.

21 And after several searches, the top head
22 portion of the column still has not been found.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 Emergency response to the incident.
2 Immediately after the explosion the First Chemical
3 facility emergency plan was activated. All personnel
4 was accounted for and on site fire brigade members
5 began fighting several small fires around inside the
6 plant with handheld fire extinguishers.

7 Local police and fire fighters responded
8 to the site.

9 Smoke from the fire was blue in a
10 southeasterly direction, which carried it over the
11 Chevron refinery, and luckily out into the Gulf of
12 Mexico.

13 The local emergency planning committee
14 called for a shelter-in-place for nearby residents.

15 The large fire of the PNT storage tank was
16 eventually put out by plant brigade members with the
17 applications of foam about 3 hours later. So all of
18 the fires were now out at 8:30 in the morning.

19 Now Steve Wallace would like to discuss
20 the key findings from the CSB investigation.

21 MR. WALLACE: Thank you, Mike.

22 Mike discussed in vivid detail what

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 happened prior to and on the morning of October 13th.

2 I'd like to recap the key findings that we determined
3 from the incident.

4 The incident was caused by a runaway
5 reaction in an MNT column that occurred because it was
6 heated for an extended period of time by steam leaking
7 through an isolation valve.

8 The CSB worked with a team experts to
9 determine the nature of MNT hazards and the time until
10 control of the reaction is lost, and this is what we
11 found. There is definitely a time/temperature effect
12 when you're dealing with mononitrotoluene, as you can
13 see from the graph that I have on the board. This
14 line represents the time when the reaction goes out of
15 control. As you can see, if you are around 400
16 degrees, you have over 40 days before you have to
17 worry about the reaction going out of control or
18 running away. When you start getting around 425
19 degrees you're in the vicinity of 10 to 11 days before
20 the material goes out of control. In the range of 450
21 degrees, you are a day or less away from the time that
22 the material goes out of control.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 As Mike noted, the base of the column, the
2 temperature, was around 450 degrees the morning of the
3 explosion.

4 Another way to say this is that the time
5 you have before the reaction goes out of control goes
6 from days, to hours, to minutes, to seconds as you
7 increase the temperature. And as the temperature
8 increases, it starts feeding on itself and increasing
9 the temperature further; that's what we mean by
10 runaway reaction.

11 We found that there had not been a hazard
12 analysis performed on this process, and that lessons
13 from an analysis of a different process unit
14 processing mononitrotoluene were not applied to this
15 unit.

16 The company had performed a hazard
17 analysis of a batched process in 1996 that processed
18 mononitrotoluene. And this resulted in updated
19 hardware and procedures associated with that column.
20 However, those lessons learned were not applied from
21 that unit or that column to this unit and this column.
22 So the knowledge was there, but it was not applied

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 broadly.

2 The column did not have safeguards to
3 ensure that it remained safe. Safeguards missing from
4 the column included:

5 Temperature alarms to warn operators of
6 process upsets; Interlocks to shut down the column
7 automatically if the column became unsafe; and
8 Adequate overpressure protection.

9 The column had been isolated by closing
10 only one manual valve in each steam line, as Mike
11 showed us a minute ago. The line was not double-
12 blocked-and-bled or blinded to provide additional
13 isolation.

14 When we refer to being double-blocked-and-
15 bled, we're referring to a procedure whereas two
16 valves are closed and a drain is opened between them
17 which will prevent material from one area of the
18 process from going and flowing to another area of the
19 process. In this case the steam, you did not want the
20 steam to flow into the reboiler and continue heating
21 the stagnant mononitrotoluene that was in the column.

22 When we refer to being blinded, blind is a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 piece of metal that is put in the line that, again,
2 provides insulation making it virtually impossible,
3 assuming the structure and integrity of your blind is
4 appropriate, making it virtually impossible for
5 material to flow from one area of the process to
6 another area.

7 And CSB determined that the isolation
8 valves leaked. Without the additional isolation, the
9 steam leaked through the valves thereby heating the
10 material in the base of the column.

11 As was mentioned before, personnel in the
12 control room were injured by shattering glass during
13 the explosion. And although a shelter-in-place was
14 called for the local community, it was not effectively
15 communicated to them and residents were not aware of
16 the appropriate steps to take had they been aware that
17 a shelter-in-place had been called.

18 We also found that First Chemical
19 conducted a safety audit as part of their Responsible
20 Care obligations in 2000, which indicated that all
21 systems, including hazard reviews, were in place.
22 Responsible Care is an obligation under the Chemical

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Manufacturers Association, which is now known as the
2 ACC or American Chemistry Council. First Chemical was
3 a member of the American Chemistry Council at the time
4 of the explosion, one of the obligations is to
5 periodically do audits and assessments to evaluate
6 your management systems. During this audit, again,
7 was indicated that all systems were in place including
8 hazard reviews. However, the CSB determined that there
9 had been no formal hazard review conducted for the MNT
10 unit.

11 Therefore, our investigators pieced
12 together our key findings to determine what the root
13 and contributing causes of this incident were. When
14 we look at root and contributing causes, we look at
15 not only what physically happened to cause the
16 incident, but we look at the underlying management
17 system failures that allowed that incident to occur
18 and would allow other similar incidents to occur if
19 those problems were not corrected.

20 The plant did not have adequate systems
21 for evaluating the hazards from processing
22 mononitrotoluene.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 Our first root cause is that the
2 Pascagoula facility did not have an adequate system
3 for evaluating the hazards for processing
4 mononitrotoluenes in their continuous process and did
5 not apply the lessons learned from hazard analysis
6 conducted on similar processes in the plant. To
7 reiterate, First Chemical had not conducted a formal
8 hazard analysis on this process. Findings from the
9 analysis of a different process handling the same
10 material were not applied to this unit. And because
11 no hazard evaluation was completed, that manifested
12 itself because safety information did not reflect the
13 potential hazards of mononitrotoluene.

14 The second root cause we determined is
15 that First Chemical did not have a system to ensure
16 that the column was equipped with sufficient layers of
17 protection to prevent a catastrophic release.

18 In order to keep columns in chemical
19 plants safe, you must have layer upon layer of
20 protection so that people are aware if the column is
21 becoming is unsafe, if the process is becoming unsafe
22 and ultimately and take automatic action if the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 process becomes too unsafe.

2 The column did not have critical alarms to
3 warn operators that the temperature was increasing.

4 The column did not contain interlocks to
5 automatically shut off the heat source if the column
6 became unsafe.

7 And as a last line of defense, you want to
8 have adequate overpressure protection where relief
9 devices will allow vapor to leave the column, thereby
10 bringing the pressure down rather than allowing it to
11 continue to be generated.

12 We found that the column did not have
13 adequate overpressure protection. Not only did the
14 relief device not open during the incident, but we
15 found that the relief device that was on the column
16 was inadequate to relieve a thermal decomposition of
17 this type.

18 A third root cause: We found that the
19 Pascagoula facility had no effective system for
20 ensuring safe work practices when isolating equipment.

21 Specific steps to isolate the column were
22 not included in procedures.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Critical items to monitor during shutdown,
2 such as temperature, were not included in the
3 procedures.

4 Operators were not trained on the
5 potential hazards of heating mononitrotoluene for an
6 extended period of time. And as we saw from the graph
7 a few minutes ago, when you heat mononitrotoluene for
8 an extended period of time it can become an
9 uncontrolled chemical reaction very quickly,
10 especially when you get into the temperatures that we
11 observed prior to the incident.

12 And the final root cause is that First
13 Chemical did not have an adequate program to prevent
14 leakage in isolation valves in steam lines connected
15 to the number 1 MNT column. The steam supply valves
16 had not been evaluated to determine how to keep them
17 safe.

18 As part of a program which determines what
19 critical equipment you need to maintain to keep it
20 safe, First Chemical did not have a program to either
21 identify the critical equipment that they needed to
22 maintain or what they needed to do as far as

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 inspections and corrections to that equipment,
2 including these steam valves. These were isolation
3 valves on steamlines that were connected to a column
4 which was highly susceptible to heat, when heat was
5 not removed from the system such as in its shutdown
6 state.

7 We also found two contributing causes.
8 When our team evaluated the cause of this incident, we
9 looked holistically at the incident, not only
10 physically what happened at that unit but what made
11 the consequences worse or could have exacerbated the
12 consequences.

13 To that end we determined that First
14 Chemical did not have a system to evaluate the
15 structural integrity of the control room or its
16 proximity to the process. As we noted before, three
17 operators were injured in the control room due to
18 shattering glass. The control room was located close
19 to the process, it was not designed to withstand
20 overpressure and there was glass on the door.

21 Thankfully, the operators only received
22 minor injuries. But due to the fact that this occurred

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 early in the morning and there were no other personnel
2 in that immediate vicinity, it probably contributed to
3 this not having been a worse incident than it was.

4 We also determined that Jackson County did
5 not have an effective system to alert residents about
6 potentially catastrophic incidents and the appropriate
7 actions to take.

8 These were our key findings and our root
9 and contributing causes. I would like for Mike and
10 Jordan to join me at the podium to address any
11 questions on this portion of the presentation before
12 we go on to the recommendations portion.

13 BOARD MEMBER POJE: Okay. Thank you,
14 Stephen.

15 At this point in time I'd like to open up
16 to the other Board members any questions that you
17 might have about this presentation or any clarifying
18 points that you would like to make.

19 Dr. Taylor?

20 BOARD MEMBER TAYLOR: I guess I could
21 start it off.

22 Steve, and to the rest of the staff, I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 have a few questions.

2 One is you mentioned that there was
3 another MNT column on site that the process hazardous
4 analysis has been performed. When you questioned the
5 company, why had they not performed the same process
6 hazardous analysis for this operation?

7 MR. WALLACE: What we were able to
8 determine is the two processes were different. The one
9 that was started in 1996 was known at the batch
10 process. It's a different type of process in which
11 material is basically put into a column, a large
12 volume of material, and then is boiled off. It is not
13 a continuous process, what we would refer to as a
14 continuous process where material is metered in and
15 products are sent out of the column at a controlled
16 rate continuously.

17 BOARD MEMBER TAYLOR: They were somewhat
18 different in that?

19 MR. WALLACE: They were somewhat
20 different.

21 BOARD MEMBER TAYLOR: Okay.

22 MR. WALLACE: However, what we found out

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 during our interviews were a number of things. The
2 1996 batch column is the first time that this
3 particular process had been applied in the unit, had
4 been applied to the First Chemical facility. They
5 were dealing with larger volumes of material in the
6 batch process than in the continuous process. And the
7 continuous process had operated for 30 some years with
8 no problems. And so it was believed that a different
9 approach was merited. It was, you know, an evaluation
10 was conducted on the batch process not on the
11 continuous process.

12 BOARD MEMBER TAYLOR: Okay.

13 MR. WALLACE: I'd like to say a word about
14 that. You know, we talk in the process safety field
15 about intrinsically safe or inherently safer
16 chemistry. It's true that sometimes you can look at
17 a batch process as being more inherently unsafe than a
18 continuous process, which they had. Because you are
19 dealing with larger volumes, you're dealing with some
20 more variables that you're not dealing with. But even
21 when you're dealing with what you feel to be an
22 intrinsically safer process such as a continuous

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 process, you still must do hazard evaluations of that
2 process and put in safeguards to keep it safe.

3 If that answered your question?

4 BOARD MEMBER TAYLOR: That did.

5 BOARD MEMBER POJE: Yes. Do you have one
6 more?

7 BOARD MEMBER TAYLOR: I do.

8 Were there any environmental exposures
9 reported related to the explosion and the release of
10 the mononitrotoluene to the community or surrounding
11 area?

12 MR. MORRIS: There was one guard reported
13 exposed at the Chevron refinery. It was a very minor
14 exposure. Luckily, through weather data that we
15 collected afterwards and testing and monitoring done
16 by the EPA, Environmental Protection Agency and the
17 Coast Guard immediately after the incident, they
18 determined that the plume from the smoke from the fire
19 from the tank, like I said, all drifted to the
20 southeast and out into the Gulf of Mexico, luckily
21 away from residential areas where people could have
22 been exposed to it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 BOARD MEMBER POJE: Okay.

2 BOARD MEMBER TAYLOR: This is the last
3 one. Regarding contributing cause number 2 in that
4 Jackson County did not have an effective system to
5 alert residents. There were several other chemical
6 facilities in this area, is my understanding. So had
7 there been other incidents prior to this one where the
8 residents were ever told to shelter-in-place and do
9 you know anything about whether that had happened?

10 MR. WALLACE: There had been previous
11 incidents in the area. There was a barge explosion
12 that occurred, I believe, in the mid-'80s. There was
13 also an incident at First Chemical where there was an
14 explosion in a column which is in the report, which is
15 part of our findings. We didn't present it today.
16 But there was a serious incident that occurred on
17 First Chemical property.

18 The second part of your question was a
19 shelter-in-place called. I don't know the answer to
20 that. In discussing that with people there was not a
21 recollection and we were not able to find records of
22 when a shelter-in-place had been called.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 So there were some previous incidents in
2 this vicinity that were serious. I am not sure if a
3 shelter-in-place had been called then or not.

4 BOARD MEMBER TAYLOR: And so the residents
5 did not have the training or enough training? There
6 was some training, but not adequate?

7 MR. WALLACE: We found at our community
8 meeting in January that the residents did not have
9 appropriate training in the steps to take when a
10 shelter-in-place was called.

11 BOARD MEMBER TAYLOR: Okay. Thank you.

12 BOARD MEMBER POJE: John, do you have some
13 questions?

14 BOARD MEMBER BRESLAND: Yes.

15 Steve, getting back to the
16 time/temperature analysis on the graph that you
17 showed. Was that information developed back in 1996
18 as part of the study on the batch distillation
19 process? And was First Chem aware of this -- of the
20 time/temperature relationship back in 1996?

21 MR. WALLACE: In the information that we
22 got, First Chemical did a fairly comprehensive

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 evaluation and analysis of the hazards of
2 mononitrotoluene. Included in that were articles that
3 they supplied to us which showed the time/temperature
4 relationship and showed that if this material was an
5 elevated temperature for an extended period of time,
6 that it could actually become uncontrolled.

7 In addition to that, some of the leading
8 sources of information in the field, both Brethericks
9 and Saks, Saks Dangerous Properties of Industrial
10 Material and Brethericks. Brethericks also discusses
11 that holding mononitrotoluenes or holding
12 nitrotoluenes at an elevated temperature for an
13 extended period of time can result in incidents.

14 BOARD MEMBER BRESLAND: And I have a
15 question about the steam leak which ultimately caused
16 the column to raise in temperature. You showed that
17 they had closed the control valve and closed one and
18 two of the block valves. So for the steam to be
19 leaking into the column, you had to have leaks in both
20 the control valve and in one of the block valves? Can
21 you elaborate on that exactly what you found?

22 MR. WALLACE: Yes. There were two -- what

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 we presented was a representation of one of the
2 stations. There were two stations that were attached
3 to the column.

4 What we found in our evaluation of the
5 valves afterwards was that in one of the columns --
6 I'm sorry. In one of the stations attached to the
7 column that it actually leaked through the bypass
8 line, meaning that it would only have had to have
9 leaked through one valve, one manual valve that was
10 normally closed anyway.

11 In the other station, you are correct, it
12 actually leaked through the main flow of the line. It
13 leaked through the control valve, which had been
14 closed, and also the manual valve which had been
15 closed. But it is important to remember that these
16 control valves were not meant to be tight shut off
17 valves. In other words, they continue to pass some
18 amount of vapor even when they are "closed." And so
19 it is not adequate to rely only on the closing of a
20 control valve and a single manual valve which may leak
21 to ensure positive isolation.

22 BOARD MEMBER BRESLAND: Can you discuss

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 for a second the temperature monitoring on the column
2 when the column was shut down? They had a series of
3 temperature monitors on the column, but were there
4 alarms that would indicate that you were getting above
5 a critical temperature?

6 MR. WALLACE: No. As we presented, there
7 were indicators, there were 8 indicators that ran the
8 length of the column. Those only sent a signal
9 showing what the temperature was. There were no
10 alarms to heighten awareness that something was going
11 out of bounds. And we found that that temperature was
12 not being actively monitored at the time of the
13 incident or prior to the incident.

14 BOARD MEMBER BRESLAND: Okay. Thank you.

15 BOARD MEMBER POJE: Dr. Rosenthal?

16 BOARD MEMBER ROSENTHAL: Yes. Thanks for
17 the excellent report.

18 You noted that batch processes are
19 generally considered to be more troublesome in regard
20 to decomposition or other process accidents,
21 inadvertent mixing. But in effect this was operated
22 as a batch process, wasn't it? I mean, at the time of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the shut down they were cooking the material and
2 recycling it, and so it was a batch process and you
3 had long residence times, as just an observation?

4 MR. WALLACE: I think that's a fair
5 analogy. Because it was shut down with material
6 inventoried in the bottom and they were applying heat,
7 I think it was akin to a batch process.

8 BOARD MEMBER ROSENTHAL: Okay. The other
9 thing that just struck me as you went through with the
10 leakage of the bypass valve and the probable leakage
11 of it, didn't we have another incident where the
12 primary failure or mechanical failure was failure of
13 the bypass valve to close? I don't --

14 MR. WALLACE: That's correct, yes.

15 BOARD MEMBER ROSENTHAL: Yes. If that's
16 correct, it kind of signals, maybe not in this report,
17 somewhere is that hey pay attention to bypass valves.

18 This may just be coincidence, but certainly -- okay.

19 Last thing is a question. This process
20 was not regulated under either the PSM standard or the
21 RMP standard, the Process Safety Management standard
22 of OSHA or the Risk Management standard of EPA. Am I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 correct?

2 MR. WALLACE: That's correct, yes.

3 BOARD MEMBER ROSENTHAL: Are there any
4 aromatic nitro compounds covered under the standard,
5 other than those that are explosives under the
6 Explosive standard?

7 MR. WALLACE: Mononitrotoluene is not.
8 Dynitrotoluene is not. And nitrobenzene is not. So
9 I'm not aware of others.

10 Trinitrotoluene may be by virtue of the
11 fact that it's considered explosive.

12 BOARD MEMBER ROSENTHAL: But that's in the
13 Explosive standard?

14 MR. WALLACE: That's correct.

15 BOARD MEMBER ROSENTHAL: It's not in the
16 PSM standard?

17 MR. WALLACE: That's correct.

18 BOARD MEMBER ROSENTHAL: Okay. Thank you.

19 MR. WALLACE: Thank you.

20 BOARD MEMBER POJE: And I just have a
21 couple of points that I'd like to get some
22 clarification on.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 You did talk about the control room and
2 its siting. I can recall a horrifically tragic event
3 in Norco, Louisiana at the Shell refinery in 1988, I
4 believe, in which 7 workers were killed in a control
5 room when there was a horrific explosion at that
6 facility. It certainly gave an inspiration to the
7 fact of control room siting needing to become a matter
8 of greater thoughtfulness and study for all existing
9 facilities and future facility designs.

10 Can you tell me a little bit about how you
11 researched this topic of control rooms and what kind
12 of guidances that you referenced in your
13 considerations?

14 MR. WALLACE: Certainly. One of the most
15 prevalent guidance documents that's used regarding
16 facility siting comes from the American Petroleum
17 Institute. It's API 752, which is specifically
18 dedicated to facility siting. It involves a number of
19 steps. In general, it's looking at your process,
20 looking at the buildings you have, determining what
21 occupancy you have and deciding what type of
22 safeguards you need to have.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 If you have a control room where you have
2 a lot of people or you have episodically a number of
3 people for meetings, then those people in the control
4 room in the middle of a process unit will be more at
5 risk. This is a science that goes back a few years.

6 Control rooms are typically designed to
7 withstand some pounds of overpressure, what they would
8 call overpressure, such that if an explosion does
9 occur people inside the control room will be kept safe
10 because the walls are reenforced.

11 We also looked at the Center for Chemical
12 Process Safety or CCPS documents regarding the
13 evaluation of process buildings. And it's along the
14 similar lines as what the API document determined.
15 What risk you have with the people and the occupancy
16 in the building and take steps to make sure they're
17 safe.

18 BOARD MEMBER POJE: Did you do any inquiry
19 of the FCC facility to find out whether they had gone
20 through any kind of analysis like that for their
21 control room?

22 MR. WALLACE: WE did. Our interviews

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 indicated that some of the employees had recalled that
2 an evaluation had been done, but no documentation for
3 such could be located and provided to us.

4 BOARD MEMBER POJE: Okay. Then in the
5 other area, I'd like to get some elevation -- I was
6 kind of disappointed to have heard that this was a
7 facility that was operating nominally under
8 Responsible Care and yet it seems from your layout of
9 evidence that there wasn't any adherence to certain
10 aspects of Responsible Care that speak to the very
11 issues of process safety.

12 Can you give me a little bit of more of a
13 background about responsible care in general and how
14 that system is audited either by corporations or by
15 facilities?

16 MR. WALLACE: The Responsible Care program
17 that was in place at the time when the evaluation was
18 done, which we referenced in 2000, had as part of its
19 obligation of member facilities that they should do an
20 annual audit to evaluate their programs that they had
21 as far as management systems to keep their facilities
22 safe. One of the specific line items in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Responsible Care is to do hazard evaluations, that you
2 have a good system for doing hazard evaluations and
3 hazard reviews.

4 That was actually checked as being a
5 practice in place, which meant that all aspects of
6 that should have been in place which ran somewhat
7 contrary to what we found. There was another aspect
8 which we discussed in the report that says that there
9 are layers of protection such that a single failure
10 will not escalate into a catastrophic event. That was
11 also checked as practice in place.

12 Responsible Care and ACC has gone through
13 some revisions lately in which the audit process has
14 changed somewhat. Before it was a self auditing
15 process where basically facilities filled out the
16 check list and sent that into Responsible Care. Now
17 there are obligations under the new system, the very
18 new system in American Chemistry Council, that audits
19 have to be verified by a third party.

20 BOARD MEMBER POJE: Thank you.

21 And then just a couple of smaller points.
22 You mentioned the term interlocks several times. Can

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 you describe for us what you mean by that term?

2 MR. WALLACE: Yes. When we talk about
3 layers of protection, certainly the column had
4 indicators which told you what happened or what the
5 temperature was.

6 Another layer on top of that would be
7 alarms that actually send a signal into the control
8 room and alarm to allow operators to know that the
9 temperature is getting too high.

10 Another layer on top of that would be an
11 interlock where that signal, once you reach a certain
12 high temperature, that signal sends a signal to the
13 valve on the reboiler line, on the steam line to the
14 reboiler, to automatically close that line.

15 The reason interlocks are important is
16 because if your temperature continues to increase, you
17 want to act quickly and even quicker than you can act
18 manually by going out into the field and literally
19 closing a valve.

20 BOARD MEMBER POJE: And finally, were
21 there any other alarms that went off? I know you
22 mentioned no high temperature alarms. But did any

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 other alarms go off on this column during this period?

2 MR. WALLACE: There was a level alarm that
3 enunciated just prior to the incident. There was a
4 level, a tray that was at the top of the column and a
5 level alarm was enunciated. It was acknowledged but no
6 further action was taken on it.

7 BOARD MEMBER POJE: So something
8 indicating that there was a build up of fluid in the
9 upper reaches of the column?

10 MR. WALLACE: Yes.

11 BOARD MEMBER POJE: Signaled an alarm, but
12 it was not acted upon as an indicator that there may
13 have been some very active temperature situation?

14 MR. WALLACE: That's correct. That's
15 correct.

16 BOARD MEMBER POJE: Okay. Thank you.

17 Any other questions from any of the other
18 Board members?

19 Very well. Again, thank you for your
20 presentation. If we can now proceed into the area of
21 the recommendations.

22 MR. BARAB: Thank you.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Mr. Chairman, Board members, Mr. Jeffress
2 and Mr. Warner, I will now present the recommendations
3 of this report.

4 Before I go into the recommendations, for
5 the benefit of the audience, I'd like to explain a
6 little bit about the recommendations process of the
7 Chemical Safety Board.

8 Recommendations are the primary tools used
9 by the Board to motivate implementation of safety
10 improvements and to prevent future accidents that
11 could endanger lives, the community or the
12 environment.

13 Recommendations are made to businesses,
14 trade associations, government agencies, safety
15 organizations and labor unions.

16 The CSB's independent accident
17 investigation process identifies trends and issues
18 that may be otherwise overlooked. We not only look at
19 specific issues that may have prevented this incident,
20 but we also look at possible changes in management
21 systems that could prevent similar incidents as well.

22 In developing recommendations, the CSB

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 also conducts research. We talk to experts in best
2 practices and government regulations.

3 As Mr. Wallace said, we also held a
4 hearing here in Pascagoula last January where we heard
5 comments from effected citizens.

6 In addition to developing the Board
7 recommendations, CSB staff also communicates these
8 recommendations to the recipients. We work with the
9 recipients after they're communicated to make sure
10 that they understand the recommendation and to ensure
11 successful adoption.

12 Finally, all recommendations are issues
13 and closed by a vote of the Board.

14 I will now present and explain the
15 recommendations.

16 The first recommendation goes to DuPont
17 Corporation. As the report indicated, although DuPont
18 Corporation owns the First Chemical facility at this
19 time, at the time of the incident it was in the
20 process of purchasing the facility and did not at that
21 time actually own the facility. However, like any
22 well run organization, DuPont has a responsibility to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 audit the safety systems of its subsidiaries such as
2 First Chem. We are therefore making the following
3 recommendation to the DuPont Corporation.

4 In light of the findings of this report
5 conduct audits to ensure that the First Chemical
6 Pascagoula facility addressed issues detailed below in
7 the section entitled DuPont-First Chemical Pascagoula
8 Facility. Communicate the results of these audits to
9 the workforce.

10 Our next 6 recommendations go the DuPont
11 First Chemical Pascagoula facility.

12 As the report indicated, the facility had
13 a number of problems in its safe handling of reactive
14 processes. The first recommendation to DuPont-First
15 Chemical Pascagoula Facility addresses the fact that
16 there was no adequate system to evaluate hazards in
17 processes that use highly energetic reactive
18 materials. It also addresses the fact that although
19 lessons were learned from a similar process that
20 processed mononitrotoluene and, in fact, safeguards
21 were implemented at that process, these lessons were
22 not applied to the process where the incident

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 occurred.

2 In order to ensure that such gaps in
3 hazard evaluations do not reoccur, we are making the
4 following recommendation: Establish a program and
5 conduct process hazard analyses of processes involving
6 reactive materials.

7 Our second recommendation to the DuPont-
8 First Chemical Pascagoula Facility results from the
9 fact that although these processes involve reactive
10 substances that could explode catastrophically, as the
11 report indicated there were no alarms to warn
12 operators of high temperatures nor were there any
13 interlocks that could have automatically prevented a
14 runaway reaction and the catastrophic release of
15 material. In order to assure that such levels of
16 protection are present in the future, we are making
17 the following recommendation: Evaluate the need for
18 layers of protection and install appropriate
19 safeguards such as alarms and interlocks, to reduce
20 the likelihood of a runaway reaction and catastrophic
21 release of material.

22 The third recommendation to the facility

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 addresses the critical gaps that were identified in
2 the written operating procedures and the work
3 practices. These included isolation of equipment,
4 information about the hazards of the process and
5 instructions on how to safely perform a shutdown. To
6 ensure that in the future these procedures are in
7 place are used we are making the following
8 recommendation: Review and revise as necessary
9 procedures for units that process reactive materials
10 and effectively communicate the updated procedures and
11 train workers appropriately. Revised procedures
12 should include: Specific steps for isolation of
13 energy sources; warnings and cautions concerning
14 process chemicals and consequences of deviations from
15 operating limits; critical operating limits and
16 guidance when the limits are exceeded; instruction on
17 how to perform a shutdown for all foreseeable causes
18 to ensure proper isolation, and to continue monitoring
19 critical parameters such as temperature while the
20 column is shut down; in addition, conditions under
21 which the material must be deinventoried, such as
22 during an extended shutdown.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 The fourth recommendation to DuPont-First
2 Chemical Facility addresses the failure of the
3 pressure relief valve to open during this incident and
4 our research that showed that the pressure relief
5 valve was not in fact appropriate for this process.

6 I will read the recommendation. Conduct a
7 facility-wide survey of pressure vessels to ensure
8 that all equipment that processes reactive material
9 has appropriate overpressure protection.

10 The fifth recommendation to DuPont-First
11 Chemical Facility addresses the fact that there was no
12 preventive maintenance program that included
13 inspections of isolation valves. This somewhat
14 addresses the concern that you raised, Dr. Rosenthal,
15 about the critical need for well operating isolation
16 valves. As the report indicated, a leaking steam
17 valve led to the overheating of the material which
18 then led to the explosion.

19 In order to assure that important
20 equipment is included in a preventive maintenance
21 program with adequate inspection schedules, we are
22 making the following recommendation: Identify

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 equipment critical to safe operation of processes
2 containing reactive materials, upgrade the maintenance
3 program and establish inspection schedules to ensure
4 the integrity of such equipment.

5 The sixth recommendation addresses the
6 location and construction of the control room. As the
7 report indicated, the control room was located only 50
8 feet from the unit and was not constructed to
9 withstand an explosion of this magnitude, which
10 resulted in the injury of 3 workers that were inside
11 the control room. In order to address the problem of
12 facility siting, we are making the following
13 recommendation to DuPont-First Chemical.

14 Survey and take appropriate action to
15 ensure that the buildings occupied by plant personnel
16 are of adequate construction and are located in such a
17 way as to protect people inside in the event of an
18 explosion from equipment processing reactive material.

19 As the report indicated, this incident was
20 not limited to the facility. There was a large amount
21 of material blown around the facility. There was also
22 a large amount of material blown off site, narrowly

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 missing tanks that contain highly hazardous materials
2 that had they been hit, could have a major impact on
3 the community as well as on the environment. Although
4 there was no health or environmental impact from this
5 incident, we do consider this to be a close call and a
6 warning to the community.

7 In order to address the problems that were
8 identified with notification of the community, we are
9 making the following recommendation to the Jackson
10 County Board of Supervisors, the Jackson County
11 Emergency Management Agency and the Jackson County
12 local emergency planning committee.

13 Update the community notification system
14 to: Achieve the capability of immediately alerting
15 residents in the Moss Point community when an incident
16 occurs that could effect their health and safety;
17 determine when a community response should be
18 initiated; communicate the nature of the incident and
19 the appropriate response by the residents; alert
20 residents when the incident is over, for example when
21 an all-clear is sounded.

22 The next recommendation addresses the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 problem that even had the residents been properly
2 notified, many were not aware what a shelter-in-place
3 meant nor how to conduct an orderly evacuation should
4 one have been necessary. We are therefore
5 recommending to the Jackson County Board of
6 Supervisors, the Jackson County Emergency Management
7 Agency and the Jackson County local emergency planning
8 committee that they conduct an awareness campaign to
9 educate residents on the proper steps for shelter-in-
10 place and orderly evacuation.

11 Finally, we are making an identical set of
12 recommendations to the American Chemistry Council and
13 the Synthetic Organic Chemical Manufacturers
14 Association.

15 As Mr. Wallace said, both of these
16 organizations administer the Responsible Care and
17 Management program for their members. Responsible Care
18 is a set of voluntary guideline systems that all
19 members of ACC and SOCMA are required to comply with.

20 In general, these voluntary recommendations serve to
21 fill in many of the gaps left by the regulatory
22 system.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Our first recommendation to the American
2 Chemistry Council and the Synthetic Organic Chemical
3 Manufacturers Association is response to the fact that
4 First Chemical had in fact done a hazard analyses of a
5 similar MNT unit, had implemented a number of
6 safeguards at that unit but had not applied the
7 lessons learned from those findings to the unit in
8 question. In order to ensure that such information is
9 gathered as part of the hazard evaluation and that
10 this information is applied to similar processes not
11 only in the plants, but at other plants owned by the
12 company as well, we are making the following
13 recommendation.

14 Amend the technical specification
15 guidelines in the Responsible Care Management System
16 to explicitly require facilities to identify findings
17 and lessons learned from process hazard analyses and
18 incident investigations in one unit and apply them to
19 other equipment that processes similar material.

20 Our second recommendation to ACC and SOCMA
21 concern the finding that, as the report indicated,
22 First Chemical had done a Responsible Care self audit

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 where they had certified that all safety elements were
2 in place, although our investigation showed this not
3 to be the case. ACC and SOCMA, as was related, have
4 recognized this problem with self audits and had
5 implemented a new system that involves third party
6 audits.

7 We are making the following recommendation
8 to ACC and SOCMA. Ensure that members of ACC and
9 SOCMA understand the audit requirements of Responsible
10 Care and accurately identify and address gaps in
11 facility process safety programs.

12 Our final recommendation to ACC and SOCMA
13 simply requests that these organizations communicate
14 the findings of this report to your membership.

15 I want to end by reemphasizing a set of
16 recommendations previously made by the Chemical Safety
17 Board. As was related, this incident was a reactive
18 chemical incident. In other words, a thermal
19 decomposition in a process and it was not properly
20 evaluated.

21 As with many reactive incidents that occur
22 in this country, the chemicals involved in this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 incident were not covered by OSHA Process Safety
2 Management standard, nor were they covered by EPA's
3 Risk Management Plan standard. The PSM and the Risk
4 Management standards address systems that need to be
5 in place in order to ensure the safety of processes
6 that involve reactive chemicals.

7 In September 2002 the CBS issued entitled
8 "Improving Reactive Chemical Management." The report
9 concluded that OSHA's Process Safety Management
10 standard and EPA's Risk Management Program had
11 significant gaps in coverage because they were based
12 on the limited list of individual chemicals with
13 inherently reactive properties. In addition, they did
14 not require specific reactive hazards to be examined
15 when performing a process hazard analysis.

16 The CSB recommended in a report that OSHA
17 amend the Process Safety Management standard to
18 achieve more comprehensive control of reactive hazards
19 by broadening applications of the Process Safety
20 Management standard and requiring that multiple
21 sources be consulted when compiling process safety
22 information. And finally, by augmenting the Process

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 Safety Hazard element to explicitly require the
2 evaluation of reactive hazards.

3 The CSB also recommended that EPA revise
4 its standard for the Risk Management Plan to
5 explicitly cover catastrophic reactive hazards that
6 can impact the public.

7 To this date, neither OSHA nor EPA has
8 taken actions adequate to successfully close these
9 recommendations.

10 Because this incident involved reactive
11 chemicals and was a reactive incident, we would like
12 to take this opportunity to highlight and reemphasize
13 the critical need for OSHA and EPA to implement the
14 CSB's recommendations without any further delay.

15 Thank you very much, and I'd be glad to
16 entertain any questions.

17 BOARD MEMBER POJE: Thank you very much,
18 Jordan.

19 I'd now like to open it up to any
20 questions or comments from Board members regarding the
21 recommendations as proposed by the staff.

22 Dr. Taylor?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 BOARD MEMBER TAYLOR: Thank you, Jordan,
2 for your presentation.

3 I guess the only question I have is a
4 follow up to the last comment regarding OSHA and EPA.

5 Have they made any progress in responding to our
6 recommendations? Have we heard from them?

7 MR. BARAB: We have been consulting with
8 them. We actually organized a roundtable on reactive
9 hazards where we cosponsored with EPA and with OSHA
10 several months ago, in addition to a number of
11 industry representatives.

12 OSHA has indicated that they are involved
13 in a number of activities that involve providing
14 information to the public and to the regulated
15 community about reactive chemical hazards, and making
16 a lot of material available on their website. They
17 have not yet addressed the actual changing of their
18 current regulations, however.

19 BOARD MEMBER POJE: John?

20 BOARD MEMBER BRESLAND: Just one. Could
21 you just elaborate on the changes in the Responsible
22 Care program as far as the audit requirements are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 concerned, the new Responsible Care program that went
2 into effect recently?

3 MR. BARAB: Yes. Previously facilities
4 were required to perform self audits. In other words,
5 they basically audited themselves and looked at their
6 systems and checked off, as Mr. Wallace said, whether
7 specific items were in fact practice in place. In
8 other words, whether the safe practices were in fact
9 in place.

10 As we heard in this incident, First
11 Chemical had in fact checked off almost everything as
12 practice in place when in fact they weren't. There
13 were a number of items that were not in place that
14 were, nevertheless, checked off.

15 Now, both the American Chemical Council
16 and SOCMA have identified this in the past as a
17 problem, a serious problem, and they have been working
18 for a number of years on how to address this. They
19 just came up with a new plan which has been
20 implemented by ACC for a year and is just now being
21 implemented by SOCMA that will involve third party
22 audits. In other words, they will, each company in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 addition to doing their own audits, will then every so
2 many years depending on the size of the company will
3 employ an outside auditor to come into the firm to
4 audit its safety systems to make sure in fact that
5 everything is running according to plan and according
6 to the audits that the actual company has done.

7 BOARD MEMBER BRESLAND: Okay. Thank you.

8 BOARD MEMBER POJE: If I could just make a
9 comment on that. The National Association of Chemical
10 Distributors, which is very much more involved in
11 repackaging and transmitting chemicals over the
12 highways and byways has for years operated under a
13 similar parallel code called Responsible Distribution.

14 And as I understand that that has within it a
15 requirement for third party auditing and, in fact, the
16 president of that organization has said that they have
17 actually had to ask members to leave who do not meet
18 that audit analysis and comply with the program.

19 So, I do think this is a very important
20 step that's being taken here.

21 But Dr. Rosenthal?

22 BOARD MEMBER ROSENTHAL: Yes. It simply

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 occurred to me that, you know, this is not a total
2 surprise your recommendations of your report. It's
3 funny to hear something over and over again and then
4 something strikes you. I'm thinking to myself now,
5 I'm sitting in the DuPont facility and I read the
6 recommendation, conduct a facility-wide survey of
7 pressure vessels to ensure that all equipment that
8 processes reactive material has appropriate
9 overpressure protection and likewise, establish
10 inspection schedules of processes that contain
11 reactive material. And I'm thinking to myself, now
12 what's a reactive material? OSHA doesn't define it
13 generally. We don't define it. I mean, everybody
14 knows what a reactive material, but it just points out
15 the need that when we talk about reactive materials
16 since everything reacts, and I'm not proposing we
17 change anything. But in the future, we ask ourselves
18 this question: How do we know whether people have
19 covered all the reactive materials? Do we use one of
20 the suggestions put forth in the roundtable papers?
21 Do we use the state of New Jersey's definition? Do we
22 use OSHA's definition?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 It's an issue that I think we all need to
2 think about collectively. Just a comment.

3 BOARD MEMBER POJE: If I could comment on
4 that one, too. I just would urge you, Dr. Rosenthal,
5 as you travel to an important meeting next week to
6 discuss reactive chemical management hazards that you
7 also add this to your discussions at that meeting.

8 BOARD MEMBER ROSENTHAL: There is a better
9 a forum under the AICHE, a new group called the
10 reactive -- the management roundtable that hopes to
11 grope with these issues.

12 But just reading it now and then putting
13 myself on the other side of the DuPont person saying
14 how the heck do I know it makes it an interesting
15 issue.

16 BOARD MEMBER POJE: Yes. And I don't have
17 anything other than an additional comment. When John
18 Bresland and I were here in January, it was obvious
19 that this community and the company already had
20 underway a number of actions to improve their system
21 of safety. So just want to make the observation while
22 the Board is completing its work, it doesn't mean that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 others aren't doing additional work out there. And we
2 only want to celebrate people moving in these
3 directions.

4 Is there any other comments by the Board
5 members on the recommendations area?

6 Then with that, I would like to open up
7 this portion of our meeting today to a public comment
8 period. And currently I have three people who have
9 signed their names onto a list asking to speak. And
10 at this point in time, I would like to request that
11 Mr. James Ellis provide us with his comments.

12 If you could please introduce yourself and
13 an affiliations that you might have. Thank you.

14 MR. ELLIS: Yes. Good morning.

15 As Dr. Poje said, I'm James Ellis. I have
16 a couple of roles here. First, I'm a DuPont employee,
17 and I have responsibility for operations for First
18 Chemical, and I'm a Senior Vice President of
19 Operations for First Chemical. So that is a matter of
20 introduction.

21 First, on behalf of DuPont and First
22 Chemical, whose now a wholly owned subsidiary of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 DuPont, I'd like to recognize first the CSB and the
2 work that they have done on the review of our October
3 incident. The recommendations that are presented here
4 today are in alignment with our findings associated
5 with the root cause investigation that we have
6 conducted. And the corrective action measures and
7 recommendations that have taken place or recommended
8 here have already taken place at that facility. And
9 I'll elaborate on some of those later on in my
10 comments.

11 I'd also like to thank the CSB for giving
12 us this opportunity to work with you. I think there's
13 been a good exchange of information through the
14 process. We've been able to do that throughout.
15 There's been learnings for both the CSB, DuPont and
16 First Chemical through the process, and that's always
17 beneficial when you talk about improving. And so we do
18 appreciate that.

19 Again, these ideas that have come from the
20 CSB in recommendations are going to ultimately help us
21 improve our process safety management, something that
22 you know that we are committed to within DuPont and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 within First Chemical now.

2 So with the First Chemical knowledge of
3 this process and DuPont's knowledge and commitment to
4 safety management and the systems associated with it,
5 I am very confident personally that we are going to
6 implement all the safety measures and put those in
7 place to prevent incident reoccurrence. That's the
8 most important thing to us.

9 Our plans are to safely restart this
10 specialty operations. It's important to DuPont, it's
11 important to First Chemical, it's important to this
12 community. And we've got to do it safety, number one.

13 This business decision comes only after
14 thousands of hours of manwork that has gone into the
15 root cause failure analysis and tens of millions of
16 dollars of expenditures to put in the appropriate fix
17 to ensure that we can operate facility safely in the
18 future.

19 In DuPont our core value of safety comes
20 in everything that we do. It's number one. And it's
21 not anything other than number one here today.

22 We've got to protect our employees at

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Pascagoula. We've got to protect our surrounding
2 community. And it's essential to our ongoing right to
3 operate this business in the future.

4 Based on our own internal root cause
5 failure analysis safety measures that we have
6 implemented to date include:

7 The installation of multiple layers of
8 protection and redundancy in our operations in all of
9 our safety systems, including enhancing our
10 instrumentation and control, the alarms systems that
11 you've heard about. The process interlock system, all
12 of these to ensure that we have early warnings to
13 prevent reoccurrence.

14 This not only applies to the fail column,
15 to applies to other equipment in this process and
16 other processes that are on this plant site.

17 We have upgraded the internal components
18 of each of our distillation columns in this process
19 and in line of the comments on the CCR relocation, we
20 have done a very rigorous and thorough siting
21 analysis. We've spent almost \$2.5 million to relocate
22 that control room, and it's up and operating today.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 In addition, we have done formal and a
2 very thorough process hazards analysis to ensure
3 ongoing safe operations and has established a set time
4 line for future processes analyses and reviews that
5 are focused on continuous improvement in all of our
6 processes, including intraprocess studies, not just
7 this process.

8 OSHA's Process Safety Management standards
9 have now been deployed addressing Dr. Rosenthal's
10 point, across the entire Pascagoula operation even
11 though parts of the Pascagoula operations are not
12 covered today under the OSHA PSM standard.

13 Finally, site operating procedures have
14 been reviewed thoroughly and updated. Ad we have gone
15 through a very rigorous reformal training of our
16 employees. That's been conducted to ensure that the
17 changes in the standing operating conditions are well
18 understood and that operating discipline is a core
19 value in terms of how we operate our facilities.

20 As a part of a commitment we have
21 maintained open communications and dialogue with our
22 near neighbors during our investigation. We recently

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 shared over a course of several meetings with our near
2 neighbors of the results of our investigation and the
3 protected measures that we're implementing.

4 We will continue to seek guidance and
5 counsel from our near neighbors, and from our newly
6 formed community advisory panel. And through these
7 community interactions we want ensure that ongoing
8 dialogue with the community at large.

9 While we anticipate our continuous
10 specialties operations and facilities to restart by
11 late October, we will not start those facilities until
12 we can start them with all the safety measures that
13 I've talked about in place and after we have done a
14 very rigorous pre-startup safety inspection.

15 Finally, let there be no doubt by this
16 Board or by this community about our commitment around
17 safety. We are committed as leadership, we're
18 committed as employees to protect our employers, their
19 safety, their health, their well being and also
20 protect the environment associated with this
21 community.

22 In conclusion, we clearly understand again

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 that the community gives us the right to operate. To
2 that extent, we must behave with the highest levels of
3 operating discipline in our process.

4 Again, we want to thank the Board and we
5 want to thank the community for their support, and we
6 look forward to our ongoing interactions.

7 Thank you.

8 BOARD MEMBER POJE: Thank you very much.

9 May I ask that Becky Gillette give us her
10 comments?

11 MS. GILLETTE: Hi. My name is Becky
12 Gillette. I'm from Ocean Springs. I'm speaking today
13 as Conservation Chair for the Mississippi Chapter of
14 Sierra Club.

15 I think one of the things that's most
16 startling to me sitting here and listening to this
17 again this morning is that we've had a year now since
18 this incident and the actual recommendations that the
19 Chemical Safety Board had made that would have
20 prevented this kind of accident from happening were
21 made before that. And yet the wheels of government
22 grind so slowly that we still don't have these

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 protections in place at this and other communities.

2 When bad things happen, we could say well
3 maybe let's look at the silver lining. The silver
4 lining from this could be that this community's
5 experience should be now shared with the rest of the
6 country in order to strengthen these regulations.

7 These kind of regulations not only protect
8 the community and the workers better, but they
9 probably also, I would imagine, cost effective for
10 industry. Because it costs a lot of money when you
11 have an accident like this.

12 So, I would say that the public, and I'm
13 speaking for Sierra Club, that we strongly support
14 these long overdue -- the recommendations aren't long
15 overdue, but the implementation of them is long
16 overdue.

17 When you drive across the new bridge to
18 Pascagoula, you can see the industry that we have out
19 there. And we know that it's important for people to
20 have jobs, but the people who live next those
21 industries deserve maximum protection. They deserve
22 for the best of technology to be used to make sure

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that there aren't accidents that effect their
2 neighborhood and can cause harm to the environment.

3 The other thing I'd like to say on the
4 positive side, is I think some good things have come
5 out of this as far as the county. And I'd like to
6 compliment the county for moving forward with the
7 reverse 911 calling program and other efforts to try
8 to educate the community about things like shelter-in-
9 place. These sorts of things were not even being
10 discussed previous to that.

11 And just one other thing I would like to
12 ask, I know there are some representatives of Senator
13 Lott and probably Gene Taylor here today. And I would
14 ask you, again, to put your political effort or your
15 strength behind getting OSHA and EPA to adopt these
16 recommendations of the Chemical Safety Board.

17 Thank you.

18 BOARD MEMBER POJE: Thank you very much.

19 Would Paula Vassey please come to the
20 microphone?

21 MS. VASSEY: As a private citizen, I'm
22 concerned still about a few problems. It seems to be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 the most important thing that was determined after
2 this incident was that the winds were blowing the
3 proper direction to not have effect on the general
4 population on this area. A better alternative would
5 be to lower the amount of volume of toxic materials
6 that are -- or explosive materials that would be held
7 on site. This process had been shut down in this
8 particular distillation chamber, there was no reason
9 and no benefit to anybody to have that much product
10 still stored in a distillation chamber that has the
11 explosivity of this particular product.

12 At this meeting I did not hear any reason
13 or argument for leaving that product in that tower. I
14 believe I understood in previous this chamber had been
15 left empty. What I need to know is when incinerating
16 on hazard waste or storage of hazard waste, they do
17 not need to keep on site what they will not have need
18 for in the near future because of the possible
19 ramifications of an explosion and having the wind
20 blowing the wrong way.

21 The other thing is although we have an
22 alert system in place now paid partially by DuPont, I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 understand and the county, which would help, it would
2 not protect the people from the downfall or the
3 outfall of what would come from the release of the
4 toxic materials.

5 So what recommendations can the Chemical
6 Safety Board raise or make aware of to DuPont or First
7 Chem to further protect the people other than shelter-
8 in-place, which other than being the only
9 recommendation does not really protect anybody?

10 Thank you.

11 BOARD MEMBER POJE: Thank you very much.

12 That is all the people who were on my list
13 presented to me shortly ago to speak, but I would also
14 open to anybody who also wants to make a comment, to
15 come to the microphone now.

16 Again, if you could please give your name
17 and any affiliation.

18 MR. WATSON: My name is Ray Watson. I'm
19 the fire coordinator and district fire manager for the
20 county. I also work out of the emergency management
21 office, and am fairly familiar with reverse 911
22 system.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 The county brought on line the reverse 911
2 system in the March/April time period. Since that
3 time we have used it on numerous occasions for
4 alerting people about control burns that either the
5 state forestry or Mississippi Sandhill Crane had --
6 was doing a prescribed burn and they would call into
7 us. We would use the system. It's a mapping system.
8 It has the phone numbers of personnel or people in the
9 county. And we draw out the little section and it
10 calls all of these people with a programmed message
11 telling them what's going on, when it's going on and
12 this sort of thing.

13 The interesting thing is that we've had
14 between 75 to 85 percent positive results with this
15 system. The major problem we have is the system is
16 only good as the database. People change phone numbers
17 like they change cloths. And that's where we've had
18 problems is that we get -- the system calls it
19 operator interrupt. And this means, you know, the
20 message that comes on your phone system that says
21 you've dialed the wrong number, please hang up and try
22 again. And that's mainly what we've had. But the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 system has been very effective.

2 It was just recently used with the patient
3 that left the home in Escatawpa, an Alzheimer's
4 patient, the system was used there to notify the
5 residents around to be aware that he was out.

6 So we have made progress in that, and we
7 do have an alert system in place. We're still working
8 on the database on it, but we think it is an effective
9 system.

10 And we want to thank industry who
11 contributed to that for us to get the system within
12 the county.

13 Thank you.

14 BOARD MEMBER POJE: Thank you so much.

15 Is there anyone else who would like to
16 make a comment? Okay.

17 Thank you all for the comments that you've
18 offered here today. I think you've added an important
19 dimension to this public meeting.

20 BOARD MEMBER TAYLOR: Just based on one of
21 the comments from the others. I have a follow up
22 question for the staff.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 BOARD MEMBER POJE: Sure.

2 BOARD MEMBER TAYLOR: To Steve or Mike, I
3 believe. The question that was raised from one of the
4 persons who presented just a few minutes ago was
5 regarding reducing the amount of chemical stored. So
6 my question, you said that regarding the storage of
7 the mononitrotoluene inside the distillation column
8 when it was shut down, why wasn't consideration given
9 to removing the mononitrotoluene from the column since
10 it was shut down for a few days

11 MR. WALLACE: We determined that it was at
12 that time normal operating procedure to leave the
13 column inventories even when it was shut down unless
14 they had to enter the column for some reason. We
15 queried as to exactly why that was the operating
16 practice, but there wasn't a specific reason given.
17 That had just been the procedure --

18 BOARD MEMBER TAYLOR: The procedures at
19 the time.

20 MR. WALLACE: -- and the protocol that had
21 been developed up to that time.

22 BOARD MEMBER TAYLOR: Okay.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 BOARD MEMBER POJE: Dr. Rosenthal?

2 BOARD MEMBER ROSENTHAL: Yes. I don't
3 think that may have been the full sense of the
4 question, Stephen. I think the question may also be
5 interpreted as to what is the total inventory of
6 perhaps raw materials or finish product, the tank that
7 burned, was related to this process. Right? So I
8 think that was the sense of the question.

9 I am not in a position knowing the
10 difficulties of transportation and what the average
11 size of a shipment is, and what the -- for the plant
12 to comment on that. But I think that was the issue
13 that was raised.

14 And there have been situations, and I know
15 this was true when I was in industry, that after an
16 accident we looked around and said why the heck are we
17 storing so much of this stuff on site. So I think
18 that is the question that was raised was an
19 appropriate amount stored given the business demands
20 and the potential hazard to the population if
21 something occurred.

22 MR. WALLACE: Well, that is an issue that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 we considered. And to reiterate, one of the
2 recommendations that Jordan discussed to the facility
3 we actually are making the recommendation that they
4 have instructions on how to perform a shutdown and
5 also conditions under which material must be
6 deinventoried, such as shutdowns.

7 BOARD MEMBER ROSENTHAL: Okay. Again,
8 that's inventory during shutdown.

9 MR. WALLACE: Right.

10 BOARD MEMBER ROSENTHAL: And I think we
11 ought to think a little more broadly, and I don't
12 think we'd have to necessarily do it at this
13 particular time. We don't have the information.

14 MR. WALLACE: Right.

15 BOARD MEMBER ROSENTHAL: But I think that
16 is the sense.

17 BOARD MEMBER TAYLOR: On site. Yes, I
18 think there were two parts to it, and one that I asked
19 regarding with what was in the column and perhaps
20 removing when there is a shutdown, removing the
21 chemical that's been used as well as the amount that's
22 stored on a facility.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. WALLACE: Yes.

2 BOARD MEMBER TAYLOR: There were two.

3 I agree.

4 BOARD MEMBER POJE: Are there any other
5 comments by the Board members?

6 Then with that, I would like to ask does
7 anybody want to offer a motion?

8 BOARD MEMBER TAYLOR: I'd like to make the
9 motion that we approve the CSB staff investigative
10 report and recommendations regarding the explosion and
11 fire that occurred at the First Chemical Corporation
12 facility in Pascagoula, Mississippi on October 13,
13 2003. Report Number 2003-01-IMS.

14 BOARD MEMBER POJE: Does anybody second
15 that motion?

16 BOARD MEMBER ROSENTHAL: I'll second the
17 motion.

18 BOARD MEMBER POJE: Great. Okay. And is
19 there any conversation that we want to have about the
20 motion or any discussion of the motion?

21 BOARD MEMBER BRESLAND: Just one. One
22 point of clarification from Dr. Taylor. The explosion

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 was -- you said 2003, it was 2002.

2 BOARD MEMBER TAYLOR: Two, that's right.
3 Thank you.

4 BOARD MEMBER POJE: Thank you for hearing
5 with great accuracy.

6 BOARD MEMBER TAYLOR: That was yesterday,
7 the day before. Okay.

8 BOARD MEMBER BRESLAND: Yes.

9 BOARD MEMBER TAYLOR: 2002. Thank you.

10 BOARD MEMBER ROSENTHAL: I think the
11 report mirrors a good understanding and elucidation of
12 what occurred. I think the recommendations are
13 appropriate. And, however, while not part of the
14 motion, I would look forward to having the Board and
15 the investigators in their free time get some kind of
16 idea of inventory just so that we can satisfy the
17 stakeholder as to approximately some idea of what's on
18 there.

19 BOARD MEMBER POJE: And then if I could
20 just comment on top of it. We are now -- it's next
21 year entering the 20th anniversary of the Bhopal
22 tragedy. And similar to what you described at Noroca,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 I think there was a great outpouring of effort that
2 occurred in the few years following that event to
3 really seriously address the needs for inventory,
4 particularly of highly reactive hazardous intermediate
5 chemicals, chemicals that were kept on site but only
6 to produce other materials. And I'm aware of a number
7 of companies, including the DuPont Corporation that
8 they inventoried a large amount of highly reactive
9 intermediate chemicals going to a just in time
10 production system to continue the economic basis of
11 the company, but to change the processing. So very
12 important question.

13 BOARD MEMBER TAYLOR: Yes. I just wanted
14 to say again, staff did a great job on this
15 investigation, and thank you for this report. And,
16 again, it also really I guess adds to the need for
17 reviewing our previous recommendations to OSHA and EPA
18 regarding reactive chemicals and moving the Process
19 Safety Management standard forward on getting some
20 changes there as well.

21 BOARD MEMBER POJE: Are there any other
22 comments?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 BOARD MEMBER BRESLAND: Well, I'd just
2 like to again commend the staff for a very good
3 report.

4 Also commend the companies involved for
5 the actions that they have taken since the incident.

6 And also Jackson County on installing the
7 reverse 911 system, which will certainly make it a
8 safer place for the citizens of the county to be
9 living.

10 BOARD MEMBER POJE: Then if there are no
11 other comments, then are we prepared to take a vote?
12 Okay.

13 Then if I can ask individually each of the
14 Board members how they're voting.

15 Dr. Taylor?

16 BOARD MEMBER TAYLOR: I approve.

17 BOARD MEMBER POJE: Dr. Rosenthal?

18 BOARD MEMBER ROSENTHAL: I'll think about
19 it. I do, too.

20 BOARD MEMBER POJE: I will approve.

21 John Bresland?

22 BOARD MEMBER BRESLAND: I approve.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 I also have a proxy vote here from Carolyn
2 W. Merritt, who is the Chairman of the Board and was
3 unable to attend today. And her proxy vote is to
4 approve the report.

5 BOARD MEMBER POJE: Okay. Good.

6 Then with that motion, I've been assured
7 by Chris that he has recorded everything, this is now
8 an accepted report and recommendations. I also thank
9 the staff for that.

10 Let me make some wrap up statement then.
11 With that vote to approve the report we are at the end
12 of the scheduled business for this morning's public
13 meeting.

14 I thank the investigative team for their
15 exemplary work on this important case: Stephen
16 Wallace, Mike Morris and Jordan Barab. The field team
17 also included Steve Selk, John Vorderbrueggen and
18 Francisco Altamirano, and all the other individuals
19 within the CSB that made important contributions to
20 this work.

21 As we've just passed the first anniversary
22 of the explosion at First Chemical, I thought I'd also

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 though like to reflect for a moment on the longer term
2 significance of this event.

3 This was an accident which, as we've
4 heard, inflicted only modest injuries and damage but
5 had the potential for being much worse. We're lucky
6 that this explosion happened early on a Sunday
7 morning. We're lucky that only a handful of workers
8 were near the explosion site during the time of the
9 explosion. We're lucky that the flying debris largely
10 spared the tanks of toxic and volatile chemicals
11 nearby.

12 This accident, though, did jar
13 Pascagoula's residents awake and sent them hurriedly
14 to take shelter. And I think it's time that we in the
15 chemical safety community are also jarred awake.

16 As was stated earlier, last year the U.S.
17 Chemical Safety Board formally recommended to OSHA and
18 EPA that they tighten their regulations to cover
19 processes like the one at First Chem, processes that
20 use potentially dangerous reactive chemicals. When
21 the Board voted on September 17, 2002 to issue these
22 recommendations, we hardly imagined that such a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 dramatic demonstration of the need would occur just
2 three weeks later.

3 We've just heard from the investigation
4 team that a root cause of this accident was a lack of
5 an effective hazard analysis when the process was
6 established. Hazard analysis is a basic safety
7 practice and everyone who manufactures chemicals
8 should be do them routinely for those highly hazardous
9 aspects of their processes. But because of the
10 limitations in the current regulations, they're not
11 universally required. As we've heard, unless you use
12 one of a hundred or so regulated chemicals or classes,
13 you may not be required to analyze the hazards of your
14 process. Mononitrotoluene is not included in these
15 existing chemical lists, and so the process safety
16 rules do not apply.

17 MNT is definitely dangerous and the
18 explosion last October potentially had the force of
19 several thousand pounds of high explosives like TNT.
20 It's only one of many reactive hazards that remain
21 outside the boundaries of public regulations designed
22 to prevent catastrophic accidents.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 As we've just heard from Jim Ellis with
2 the new ownership of First Chemical has come a fresh
3 opportunity to make this a safer facility. It's taken
4 the investment of time and talent and significant
5 capital. And I think we should be thankful for that.

6 With the recognition of how community
7 notification systems functioned on October 13th last
8 year, there came a good opportunity to make this
9 chemical corridor a safer place to live and work. The
10 business community and the emergency management
11 agencies have taken steps, and I think we're seeing
12 ripple effects that benefit even situations that were
13 not originally contemplated here. I think the
14 statement was about a poor individual lost from a
15 hospital situation and needing to guide the community
16 on that. So ripple effects can come out of this.

17 All these good things are underway and,
18 hopefully, we'll develop further. But what about the
19 other unrecognized reactive hazards at plants all
20 around the country? It's time today to make those
21 changes that we would automatically make in the
22 aftermath of a significant disaster. If, heaven

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 forbid, the consequences had been worse here on
2 October 13, 2002, I fully believe that today there
3 would be new and potentially onerous safeguards on the
4 rulebook, but truly it would have been too late.

5 The Board welcomes increased OSHA
6 attention to the problem of reactive hazards, and
7 these are leading a series of new and useful
8 initiatives. I do believe, however, that the time for
9 a strong and mandatory action has arrived in terms of
10 regulatory coverage. Let's all be jarred awake by the
11 explosion at First Chem.

12 With that, this meeting stands adjourned.

13 (Whereupon, the public meeting was
14 adjourned at 11:20 a.m.)

15
16
17
18
19
20

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701